

15 Mr. Weicher, welcome back.

16 MR. WEICHER: Thank you. Good afternoon.

17 I am Richard Weicher from BNSF.

18 With me is Sam Sipe, who after I take
19 hopefully ten minutes or so will then go on with the
20 remainder of our time.

21 Also with us is Jeff Moreland, the Chief
22 Legal Officer of BNSF. This is an important case to

1 us, as are all our coal rate cases.

2 I will cover some parts of the argument
3 and try to address a few of these railroad questions
4 that came up the last part of the argument. There's a
5 lot here, so Sam Sipe is very much anxious to get in
6 a number of the complex calculatory issues we've been
7 talking about as well.

8 We started with the premise that the
9 Board's function here is to protect a shipper from the
10 potential abuse of market power. We don't believe
11 there is any abuse of market power here or anything
12 that requires Board intervention. We don't believe
13 Otter Tail has been injured by pricing to its Big
14 Stone plant. It is correct that the expiration of a
15 multi-year, a decade long contract which we won't go
16 into details of but at the end of 2001 our company did
17 indeed offer a rate reduction for an extended contract
18 period. Otter Tail chose instead to not enter into a
19 contract and seek a common carrier rate. The company
20 did publish a slightly higher rate in that event
21 without the protection or the attributes that come
22 with a contract, but there is nothing egregious or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 outrageous going on here. And after a decade with the
2 contract, it is our understanding from public
3 announcements that Otter Tail is prepared to expand
4 and build an additional generating facility in the
5 climate they have been in.

6 It is also our understanding and is in the
7 record to expert study we put in, that it is true the
8 cost of delivered coal for Big Stone has gone up.
9 Almost entirely due to the increase in the unregulated
10 cost of coal, only a little bit due to the increase in
11 a regulated rail rate.

12 Nor is there evidence that the coal rates
13 in this case, the coal transportation rates, have
14 impacted the dispatch or the capabilities of this
15 power plant or kept it from producing in any respect,
16 or limited its production.

17 There is in elastic demand here. This is
18 a situation where differential pricing is in play, and
19 that is entirely correct and appropriate.

20 It is also true that BNSF needs over the
21 long term to have adequate revenues to earn its cost
22 of capital. And it's critically important from our

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 standpoint in this or any coal case, that the Board
2 not retreat into some cost-based allocation ignoring
3 the broader purposes of regulation, the broader
4 purposes of the Act and our need as well to generate
5 revenues for massive investment. This is not the
6 place to just retreat into formulas and arcana, not
7 that that isn't a big part of any of these case. But
8 investment doesn't come out of thin air. It comes out
9 of real dollars for an expensive structure. It's not
10 a time for arbitrary rate caps based on formulas.

11 Now, I have been involved in the stand
12 alone cost cases since the beginning and since the
13 formulation of constrained market pricing. I think I
14 used to think I knew what this thing was supposed to
15 do or when it started out, it was supposed to have a
16 purpose, I believe, to create the theoretical
17 alternative for a shipper so that it wouldn't pay more
18 than it had to build and operate its own railroad.
19 That was the theory, we believe, of constrained market
20 pricing of the stand alone railroad. That original
21 premise was to say what's the alternative, what's the
22 economic alternative as part of Ramsey pricing for in-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 elastic demand. If it was elastic demand in a totally
2 competitive situation, and there had been a built-in,
3 we wouldn't be having this delightful discussion of
4 all this arcana. But it is a place with in-elastic
5 demand, so it is appropriate to look at that
6 alternative. But that alternative, and I believe Mr.
7 DiMichael used the term the SARR should be measured by
8 the same test as a real railroad. Well, that's true.
9 We've gotten so far from that such thing it's
10 ridiculous. You have a separate discussion of issues
11 under SAC in general, but within this case we have the
12 same kind of issues of massive crossover traffic,
13 multiplied by the issue of whether there are even any
14 common facilities between the issue traffic, the Otter
15 Tail traffic, and all this crossover traffic.

16 The crossover traffic in this case from a
17 layman's standpoint, I'll put that as a layman from
18 the economist standpoint. I am a lawyer, but this is
19 now we're into the economic theory of Ramsey pricing
20 and constraint about the pricing. We're so far out on
21 the fringes now.

22 We've got 95 percent plus crossover

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 traffic driving this railroad not as a method of
2 simplification, but as a way to put in a toll or slice
3 a nickel or slice or a something off gazillions of
4 tons of coal that have nothing to do with real world
5 Otter Tail alternative. And we got all this coal
6 going out the south end, we distribute it. And I know
7 Mr. Sipe will use this also, but there's a map in the
8 packet which is very similar to complainant's map,
9 that shows their stand alone railroad and shows
10 Cordero and Donkey Creek, the south end of the Powder
11 River Basin.

12 A 100 plus million tons of coal are coming
13 south out of the basin from a point beyond where Otter
14 Tail goes north. And I get mixed up on this every
15 time I get through it. But in order to create --
16 there is some double crossover or crossover on
17 crossover or something that goes out the north that
18 happens to touch some of the track that goes out the
19 south so they can pull in 150 tons going south and
20 then take the issue that I know is very important, you
21 know, dollar versus mileage allocation and take a
22 division. But before you get to that division and all

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that issue, you have to look at why is all this
2 traffic in this stand alone railroad. Where is it
3 coming from? You know, it's just popping in there we
4 think -- I think far beyond any rational application
5 of stand alone railroad theory as it started out.

6 This kind of ties in -- well, it does tie
7 into the PPL test, which I'm sure Mr. Sipe will
8 address in greater detail. We agree with the PPL
9 test. If anything, it doesn't go far enough. But
10 beyond the PPL test here, you've got they're trying to
11 pull in all this traffic to support an PPL test or to
12 pass a PPL test.

13 Another critical issue we need to address
14 from the real railroad standpoint, a SAC railroad must
15 reflect the real costs of infrastructure and physical
16 plant. This is an issue in all of these cases, it's
17 an issue here, too. It isn't, other than the
18 productivity and indexes ones, it hasn't been of the
19 marquee you've talked about -- or excuse me, the
20 complainant raised in his argument. But we have
21 another situation where we have from a railroad
22 standpoint, a real railroad standpoint low ball

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 estimates of earthwork, minimum grading, skip a bunch
2 of the access roads along the stand alone railroad to
3 service it and then out source the maintenance to the
4 low cost most theoretically more efficient plant.

5 The chart that complainant used to compare
6 to average out of R1 maintenance of way figures for
7 our entire 33,000 mile plus system, not the Powder
8 River Basin; not what's happening in the real world
9 with coal.

10 And, Commissioner Mulvey, you know, I have
11 looked at the records here. These are such huge
12 records, I can only say to the best of my knowledge it
13 doesn't cover fugitive coal dust or the coal dust
14 issue. I believe that the maintenance costs here
15 certainly in Otter Tail's SAC railroad are way
16 understated. They are probably understated for our
17 real world experience in keeping an enormously complex
18 plant like the Powder River Basin in place.

19 And as to the productivity issue, again
20 and we had the opportunity to try to checkout while
21 you were asking complainant, I don't know the answer
22 to the forward looking productivity so much as we know

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there were great productivity increases in the past,
2 a lot of them in the late '90s through the merger era.
3 Certainly we as a company plan for, expect and
4 continue to seek productivity increases in the future.
5 Whether they can keep pace with what has happened, I
6 don't know. And they always involve trade-offs,
7 whether it's capital for the bigger locomotive or
8 capital for the PTC or the systems to automate a
9 railroad in addition, of course, in negotiation with
10 labor over what that does to employees and what they
11 must be paid over time. And as that happened in the
12 past when those changes occur, they occur in our
13 industry through that whole process, and it is not an
14 automatic -- it can't be, or an in expensive process,
15 nor should it be when those rights must be respected.

16 Though the system of a SAC railroad being
17 propounded in our view should not be a SAC like
18 cheapest alternative through the system, that's not
19 feasible under the standards of constrained market
20 pricing. That's not the standard that approaches real
21 world.

22 It's a hot summer day in the District of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Columbia and in the midwest, and in the southeast and
2 the southwest. We have 100 utilities my company is
3 handling coal to out of the Powder River Basin. We
4 are under tremendous stress in doing that. We are in
5 a situation right now in Powder River Basin, we're in
6 a 24/7 situation with maintenance being pulled from
7 everywhere, massive pieces of equipment all to
8 maintain the fluidity, deliver the coal and expand the
9 infrastructure to maintain service for the user
10 utility. This is a big dollar, major enterprise.

11 Our Chairman said yesterday to the world
12 that we're up to this commitment to our customers. WE
13 will meet it. We will continue to invest. If the
14 Board wants to tell us that that's an improvement and
15 that with these rates we're going to be regulated on
16 a cheap basis, a minimal basis, a no reliability
17 basis, a basis that doesn't have that capital, that's
18 what happens if you just pick through and take the
19 lowest number of every 50 columns, try and peel it
20 down, ignore the need for capital and use artificial
21 numbers other than the real world.

22 I think that was the ten minutes. I could

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 go on, but Mr. Sipe has to cover several of the other
2 critical issues.

3 We have to respond to questions, however
4 you do it later.

5 CHAIRMAN NOBER: Mr. Sipe?

6 MR. SIPE: Thank you, Chairman Nober.

7 Good afternoon, Vice Chairman Buttrey,
8 Commissioner Mulvey.

9 I think this might be my third or fourth
10 time doing one of these arguments, and I was just
11 sitting there asking myself am I maybe getting a
12 little tired of this. And the answer is this
13 afternoon has gone on for a while, but the overall
14 argument I'm not tired of. I think this has been a
15 really good discussion so far. I think Mr. DiMichael
16 focused on the real issues in this case. I don't
17 happen to agree with very much of what he said, but I
18 think he focused on the real issues.

19 I think the Board members' questions
20 focused on the real issues. And I'm going to try to be
21 responsive to those issues.

22 Can you hear me okay, because I'm not too

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 close to the mike.

2 CHAIRMAN NOBER: Yes. You're taller than
3 the average litigant, I guess.

4 MR. SIPE: I could take my shoes off, but
5 that would be a little too folksy.

6 Let me start with the revenue issues
7 because I think they are, from our perspective, the
8 controlling issues in the case although not the only
9 issues. And I'll start with a point that was important
10 Mr. DiMichael, which is the so-called market-based
11 divisions. Their preferred case is built on these
12 extrapolations of so-called real world divisions,
13 information that they obtained from us in discovery.

14 First of all, I would say that the way I
15 read the Board's precedent on crossover revenue
16 allocation the Board has not definitively adopted a
17 single preferred method for allocating revenue on
18 crossover traffic. The two prior cases that had been
19 decided prior to the submission of opening evidence,
20 I believe TMPA and PPL both indicated that there was
21 not at that point a single preferred methodology. I
22 don't think it's a fair reading of the Board's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 precedent to say that there is a commitment to market-
2 based divisions.

3 This is very important in my mind. I
4 don't think there has been a serious effort on the
5 part of any of the shippers who have espoused so-
6 called market-based divisions to talk through in a
7 coherent economic framework how a real world
8 defendant's divisions on traffic with other real world
9 railroads reflects a paradigm that could be meaningful
10 in the hypothetical context of crossover traffic.
11 Because the reality is there are no divisions on
12 crossover movements. There are no such movements.
13 There are no negotiations in a contestable market
14 where an entry is completely free and exit is
15 completely free to tell us exactly how those revenues
16 would be determined. And I think in the absence of a
17 coherent framework it would be extremely perilous for
18 the Board to go back to market-based divisions or some
19 semblance of them. And I think what you aid in the
20 Duke NS case is that you didn't want to go that way.

21 I think what you said in Duke NS is that
22 you felt that a cost-based approach to crossover

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 divisions was a more reliable framework. The language
2 specifically was the revenue allocation should reflect
3 to the extent practicable the defendant carrier's
4 relative costs of providing service over the two
5 segments. And our economic witness in this case,
6 Professor Ordovery, although he obviously criticized
7 the concept of crossover traffic, did state that a
8 cost-based revenue allocation procedure would be
9 superior to a supposed market-based approach because
10 " a cost-based revenue allocation is a proxy for the
11 comparison of revenue and cost that is the essence of
12 the SAC test." At least you're taking into account of
13 what you have to pay to carry the traffic over the two
14 segments of the crossover movement.

15 Now when we filed our opening evidence in
16 this case we were espousing the density adjusted
17 method, which has subsequently been rejected by the
18 Board. And we don't agree with that and we think if
19 you went back and looked carefully at what we said and
20 thought about it in context, you might conclude that
21 it is the best approach. But I don't think it would
22 be wise for me to butt my head against that wall, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I hope Mr. Atkins doesn't quote me on it in his next
2 brief. But I said it with full knowledge.

3 So what we are advocating here is a cost-
4 based revenue allocation procedure that we think
5 satisfies --

6 CHAIRMAN NOBER: He quoted me in that
7 brief, too.

8 MR. SIPE: We both got in there a couple
9 of times, at least once on the same subject.

10 We have presented evidence as a cost-based
11 revenue allocation in this case which we think
12 achieves or best achieves, given the record in this
13 case, the Board's objective of establishing a fair
14 cost-based division between the shippers. The issue
15 here has to do with the origin credit that you assign
16 as part of the MSP methodology that the Board adopted
17 as its default methodology in the Duke Norfolk
18 Southern case. And I think I can put this in context
19 for you by referring you to a couple of the
20 attachments that we handed out.

21 First of all, there is the map which was
22 part of our evidence in an earlier submission which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 shows the Otter Tail stand alone route of movement.
2 And we highlight in there a portion of the short haul
3 traffic that exits the Powder River Basin to the
4 south. And the only point I want to make right now is
5 that there is a huge volume of traffic that Otter Tail
6 used in its design of the stand alone railroad here
7 that is very short haul crossover traffic; 25 miles or
8 less.

9 If you turn to the next page, you'll see
10 that there are basically two large segments of that
11 short haul crossover traffic. And we're talking now
12 about under their alternative case where they use the
13 MSP revenue allocation with the 100 mile block.

14 There are 84.5 million tons of traffic
15 that travel south from Cordero. This traffic averages
16 only 24 miles on a 1200 mile railroad. One-third of it
17 averages 8 miles or less on the Otter Tail. On and on
18 the bottom line here is that the Otter Tail's share of
19 revenue on this southbound traffic is almost five
20 times larger than the residual BNSF's. Same thing for
21 the traffic that goes south and exits the stand alone
22 railroad at Donkey Creek.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 What we think is going on in this case is
2 that Otter Tail deliberately designed a stand alone
3 railroad that tries to take advantage of large amounts
4 of revenue generated by the short haul crossover
5 traffic. And the vehicle for getting the revenue here
6 is the 100 mile origin credit.

7 You'll see in the handout here that a very
8 substantial portion of the revenue is attributable to
9 the origin credit. On the Donkey Creek traffic, for
10 example, 87 percent of revenue is attributable solely
11 to the 100 mile origin credit.

12 We took a careful look at the costs
13 implicit in that 100 mile origin credit. It's a
14 system average number. As Mr. DiMichael said, it's
15 drawn from the carload Waybill Sample. But we know
16 that unit train originations are far more efficient
17 than originations of single carloads which often have
18 to be switched in and out of trains. And the Board's
19 own adjustments to URCs suggests that they are about
20 25 percent of the system average carload origin cost.

21 Now Mr. DiMichael suggested a number of
22 reasons why the Board shouldn't pay any attention to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 our evidence on the revenue allocation, the 25 mile
2 block. First of all, he said it's inconsistent with
3 precedent, and I really think that was also kind of
4 the gist of his last point where you quoted from the
5 brief. But the fact is the Board has said it's looking
6 for the most accurate reflection of the costs. And if
7 it's undisputed that the 100 mile credit overstates
8 the cost of originating coal traffic, then the Board
9 ought to go with something that's more accurate.

10 And we put in detailed information on that
11 in the context of our evidence. And I'm not going to
12 read from it here, but I'd like to refer the Board
13 specifically to our supplemental reply evidence, dated
14 March 22, 2004, Exhibit 3A9 where we explain in detail
15 why the 25 mile origin credit for coal originations in
16 shipper owned cars is the most appropriate evidence of
17 record.

18 Mr. DiMichael also says that we ignored
19 line haul costs. But if you read that exhibit
20 carefully, you'll see that we didn't.

21 He also says that somehow if you were to
22 adopt the 25 mile credit, in this case you'd be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 jeopardizing the Board's carload Waybill Sample. But
2 we're not talking about using the 25 mile credit for
3 purposes of the carload Waybill Sample. We're talking
4 about using it as a revenue allocation in a SAC case.
5 And the Board can surely do that without jeopardizing
6 what it does with its carload Waybill Sample.

7 In short, on this issue which it's really
8 a very big issue in the case, if you were going to
9 take seriously what you said about trying to find a
10 revenue allocation procedure that fairly divides the
11 costs between -- that covers the costs of the two
12 portions of the stand alone movement, I think you
13 really on this record have to go with the 25 mile
14 block.

15 I think it's instructive also for the
16 Board to remember that when it departed modestly from
17 MMP in the Duke NS case, its motive for doing so was
18 to avoid an incentive for designing a SARR that was
19 perhaps designed to take advantage of the revenue
20 allocation procedure.

21 You'll recall that in that Duke NS case
22 the Board adopted MSP with the 100 mile origin and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 termination credits and it chose to do so because of
2 its concern that the modified milage prorate, the
3 block methodology as the Board called it there, "leads
4 the parties to design SARRs to take advantage of its
5 revenue allocation rather than produce the fairest
6 division between the carriers." And I think it's
7 pretty clear from the data that we've presented about
8 these short haul movements that that's exactly what's
9 going on here. If you use something that more closely
10 approximate costs, you are going to have a fairer
11 result. And you're not going to have stand alone
12 railroads designed in the future solely to take
13 advantage of short haul movements.

14 Now I want to talk a little bit about the
15 PPL test. We think that the PPL test is correctly
16 decided, correctly implemented by the Board. And we
17 also think that there should be a second step to the
18 PPL test, which is to apply it at the rate
19 prescription stage. And if you stop and think about
20 it if you were to adopt that approach, you wouldn't
21 really be asking the Board to go through a full
22 fledged application of the PPL test twice. Because

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 when the parties submit their opening evidence, the
2 nature of the submissions in these cases is the
3 shipper is always going to pass the PPL test based on
4 its evidence because it has claimed vast revenues and
5 very low costs. I mean, that's just the nature of the
6 beast. We all know that.

7 Similarly, the railroad is always going to
8 show that the shipper flunks the PPL test based on its
9 opening evidence because the railroad always says the
10 revenues are a lot lower and the costs are a lot
11 higher. So, in fact, you don't need to do it after the
12 parties file their first two rounds of evidence. It's
13 only after you've decided what the revenues and the
14 costs are that application of the PPL test is
15 meaningful. And at that point you're either going to
16 know whether a rate reduction is called for or whether
17 a rate reduction is not called for.

18 If a rate reduction is called for, then
19 you take a look at the PPL test in the context of the
20 rate prescription.

21 In the final pages of the handout that I
22 gave you this afternoon we produced three schematics

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from the evidence we put in on March 1st of this year
2 where we show what happens when you apply the PPL test
3 at the rate reduction stage. It's quite
4 straightforward. You basically have a SARR with two
5 segments, an east/west segment and a north/south
6 segment. In our example, the first page 3A5 you've got
7 an overage on both segments of revenues in excess of
8 costs. But the overage on the short north/south
9 segment is proportionately greatly than on the
10 east/west segment.

11 On the second page it shows that when you
12 add that those two overages together for purposes of
13 computing a system-wide rate reduction, you find the
14 total overage in our hypothetical example of 15
15 percent \$300 out of \$2,000. And that would imply
16 under the Board's percentage rate reduction approach
17 a 15 percent across the board rate reduction.

18 And what the third page shows is when you
19 do that, you end up with a reduced rate for the
20 traffic on the east/west segment of \$1445 versus
21 collectively attributable costs of \$1500.

22 And the point here, which I think came out

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in Chairman Nober's questioning, is that the traffic
2 on the east/west segment is not covering its
3 collectively attributable costs. And the essence of
4 the SAC test is this: At what rate level would a
5 hypothetical stand alone railroad enter the market to
6 serve the issue traffic and other traffic grouped with
7 the issue traffic? Would a hypothetical stand alone
8 railroad build this east/west segment at all if it
9 knew it was going to receive \$55 less than its full
10 economic costs? And the answer is pretty clear. It
11 wouldn't.

12 We think the logic of the test at the rate
13 reduction stage is pretty much infallible, and if
14 there's any question on the Board's mind with respect
15 to that, I would certainly be happy to get into it.

16 So those are the big, if you will, revenue
17 issues in this case that we believe drive the result.

18 Let me just say there's a related issue
19 that I want to allude to because Mr. DiMichael
20 mentioned it, and that is the south of Cordero
21 traffic, which we have argued in this case should be
22 excluded.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I agree with Mr. DiMichael's
2 characterization that if you apply the PPL test
3 properly, and in our mind that would mean applying the
4 PPL test with the revenue allocation based on MSP with
5 25 mile origination credits; if you apply it properly
6 here, then the southbound traffic problem is really
7 taken care of. The reason we argued in this case that
8 the southbound traffic should be excluded is that we
9 thought it was so clearly an attempt, to use a word
10 that has been overused and we've probably overused it
11 among others, to game the configuration of the stand
12 alone system. And we thought the best way to send a
13 message to shippers would be to exclude that traffic.
14 Because it doesn't share facilities with the issue
15 traffic. What is it doing in there?

16 We also think it is, in fact, to exclude
17 it would be consistent with the Board's simplification
18 rationale that it is used to justify crossover traffic
19 in the first place. The Board says let's focus on the
20 issue traffic route of movement. Well, here we're
21 talking about something that's not part of the issue
22 traffic route of movement. It would be clear and easy

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 as a threshold matter to knock this traffic out of the
2 stand alone model, and we think the Board could do.
3 But I'm not saying that I think it's essential.
4 Because if you apply PPL properly, you should get to
5 the right result.

6 Now, let me mention a few of the other
7 matters that Mr. DiMichael addressed. And let me
8 preface it by saying that we have had so far in this
9 oral argument a good discussion of the issues, but no
10 discussion of the procedural posture of the case when
11 a lot of this evidence was put in. And this is
12 important for us, because on several of these issues
13 where they are claiming they now have the best
14 evidence of record, that evidence never came in as
15 part of their opening case and we never had an
16 opportunity to address it. We've had to file a major
17 motion to strike back in the spring of 2004 because
18 they came in with several categories of impermissible
19 rebuttal evidence back then. And I'm just going to
20 refer you to the motion. I'm to going to, obviously,
21 read it again. But it cuts across a lot of these
22 issues.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And let's talk, first of all, about the
2 operating plan. Chairman Nober, you said at the
3 outset that Otter Tail has come in and submitted the
4 RTC model. And we have this seemingly anomalous
5 situation where BNSF has been advocating use of the
6 RTC model in case after case, but we didn't model the
7 entire stand alone system and somehow they fault us
8 for that. But how did that come to pass?

9 The way it came to pass in the procedure
10 of this case is that, as usual, they came in initially
11 with a string program. And the string program had a
12 lot of problems, and I think everybody here agrees
13 that it's seen its best days, if it had any good days
14 and now we're in the RTC world. But we weren't at the
15 beginning of this case.

16 So we have reply evidence. And we look at
17 their evidence and say we don't need to model the
18 entire system because we can tell that they have
19 sufficient capacity on two segments of the stand alone
20 railroad. And what is the RTC model used for? It's
21 used for two things primarily. It's used to determine
22 whether there is sufficient capacity, and that goes to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the construction cost side of the equation. If
2 there's not sufficient capacity, you have to build
3 more. And it's used to determine transit times,
4 primarily online transit times.

5 Here's what we did. We took a look at two
6 of these four segments and we said capacity is
7 sufficient and we said we'll use our real world
8 transit times for those segments because what they
9 built modeled what was there in the real world.

10 As to the other two segments, we used the
11 RTC model.

12 So we went through several iterations of
13 the string program in this case. They kept
14 resubmitting it, it continued to have problems.
15 Finally the Board, as you know last December and
16 January of this year, said we're going to call for
17 submission of evidence on these modified traffic
18 groups. And the Board made clear we're going to let
19 Otter Tail come in at the end of the day and use the
20 RTC model.

21 Well, that's fine. I'm not saying the
22 Board shouldn't have done that. But I'm saying that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was not their opening case. If they had put in a full
2 RTC model opening, of course we would have modeled the
3 full stand alone railroad. But things never unfolded
4 so as to give us the opportunity or incentive to do
5 that. And we accepted basically what they modeled in
6 the RTC.

7 They turn around and say BNSF's operating
8 plan is flawed because we only did a piece of it. But
9 under these circumstances it's clear why we only did
10 pieces of it.

11 Now what is really driving any differences
12 between the parties on the operating plan? It's
13 primarily two things related to the yards. It's dwell
14 time in the yards and it is yard capacity.

15 The RTC model does not tell you terminal
16 dwell time. Terminal dwell time is an assumption that
17 the parties put into the RTC model. They said two
18 hours, we said six hours. Our six hours is
19 consistent, I believe, with what you've decided in
20 prior cases and we think it's well defended in this
21 case. But the answer should not be does the RTC model
22 spit out two hours or six hours or some other number

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of hours. Because it's an assumption that is input
2 into the model, it's not an output.

3 As to yard capacity, think about it.
4 Dwell times means how many rail cars and locomotives
5 do you have sitting in a rail yard. Capacity is going
6 to be a direct function of dwell times. If they're
7 only in there for two hours, you're going to be able
8 to move them in and move them out and you won't need
9 so much yard track and other space in the yards. If
10 they're in there for six hours, you're going to use
11 more capacity. That's how we got the different dwell
12 times and yard capacity in this case, and we think the
13 record fully supports our assumptions.

14 Now, Mr. DiMichael said you couldn't run
15 the RTC model to completion -- I think he said this --
16 if you used our terminal dwell times. The answer to
17 that then is for the Board to go back, if it decides
18 our terminal dwell times are the right times, is for
19 the Board which now has the model to go back and run
20 it with the six hours and see if you need anymore
21 capacity on this stand alone railroad so that the
22 model will run to completion. There's no reason you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 can't do that. But we should not be faulted under the
2 facts of this case for not having modeled the entire
3 SARR.

4 Productivity. This is an issue where
5 impermissible rebuttal and the burden of proof clearly
6 comes into play. In their opening evidence Otter Tail
7 had one sentence and stated without any explanation or
8 supporting evidence that the annual inflation forecast
9 should be the RCAF-A.

10 We said they didn't put in a case. They
11 put in a naked assertion. We said the RCAF-U; that's
12 what you've used in all your prior cases for reasons
13 that are pretty well grounded.

14 Now I think everybody in this room
15 believes that a hypothetical stand alone railroad
16 might experience some modest productivity gains into
17 the future. I don't think it was our obligation to
18 say in response to their opening evidence what that
19 might have been based on this record. I don't think
20 there's anything in the record that tells you what
21 those modest productivity gains might be. They didn't
22 make any effort whatsoever to link their laundry list

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of possible productivity improvements to specific
2 productivity gains effecting different areas of stand
3 alone railroad operations. There's no basis,
4 unfortunately. I know the Board would like to do
5 something in these area, but there's no basis in the
6 record for the Board to make an informed intelligent
7 statement that we're going to use, let's just pick a
8 hypothetical number, ten percent of the RCAF-A and 90
9 percent of the RCAF-U going forward.

10 A similar issue with respect to debt
11 costs, similar in the sense of this is an issue that
12 first came up on rebuttal. It's not correct to say
13 that Otter Tail simply updated debt calculations.
14 What Otter Tail did was to modify the basic approach
15 that it used on opening, which was to use the industry
16 average cost of debt for the period 1999 through 2001.
17 On rebuttal, Otter Tail used the industry average only
18 through 2002 and then assumed, simply assumed that
19 OTRR will refinance the debt portion of its capital
20 structure in first quarter '03 at a much lower
21 interest rate. There's no justification or rationale
22 as to why this approach is justified.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 It clearly wasn't responsive to BNSF's
2 reply evidence since BNSF accepted Otter Tail's
3 opening methodology. Otter Tail provided no evidence
4 that the SARR would be able to refinance a debt burden
5 of the size of the SARR's debt, no evidence about the
6 interest rates that might apply to such a refinancing,
7 and no evidence about the financing fees that would be
8 required if a financing were feasible.

9 And it's true, a lot of people have
10 probably refinanced their mortgages. But if there's
11 someone here who has done it without paying any fees,
12 maybe he or she could give me a call and refer me to
13 your mortgage banker so I could take advantage of that
14 deal, too.

15 But I think that there is an important
16 point here about the state of the record. The Board
17 laid down rules in one of the eastern cases about the
18 circumstances under which rebuttal would be
19 appropriate. And we think that in several of these
20 areas Otter Tail has not adhered to that.

21 It looks like I'm almost out of time.

22 On the maintenance of way issues, Mr.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DiMichael urged you to look carefully at the evidence.
2 I would simply urge you to do the same. We've
3 approached maintenance of way from the bottom up,
4 haven't out sourced it. We've provided realistic
5 justified estimates of what it would actually cost to
6 maintain a high volume, high density coal hauling
7 railroad. And we think that as in the recent cases,
8 our evidence is the best evidence of record.

9 I'll stop there.

10 CHAIRMAN NOBER: All right. Thanks.

11 Commissioner Mulvey, you want to start?

12 COMMISSIONER MULVEY: First of all, with
13 regard to refinancing using 2003 rates do you know
14 what happened to railroads' cost of capital for 2003
15 and 2004?

16 MR. SIPE: I think the industry cost of
17 capital has been trending down somewhat over the last
18 few years.

19 COMMISSIONER MULVEY: Our most recent
20 calculation, however, shows the cost of capital
21 increasing for 2004, largely due I believe to the cost
22 of equity capital, albeit the cost of debt financing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 seem to be either flat or trending up.

2 I have a question. You didn't model the
3 entire system, but would it have been that expensive
4 to have gone and modeled the entire system so we
5 wouldn't have this dispute between who modeled what
6 and whether or not there was comparability between the
7 two?

8 MR. SIPE: I think in the scheme of things
9 had we known that the issue was going to be here, we
10 would have certainly done the modeling. But the
11 circumstance we were facing was that they had put in
12 a model based on the string program. Our people who
13 know railroad operations looked at it and said it
14 looks like they have enough capacity on two of these
15 segments. Why don't we just go ahead and accept that
16 and avoid -- and this is ironic -- avoid a dispute as
17 to those and model the segments where we think there's
18 an issue. In hindsight one would say we should have
19 done it otherwise, but I think we had a good reason
20 for doing it the way we did it.

21 COMMISSIONER MULVEY: With regard to the
22 crossover traffic moving south, I realize that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 relatively little of it operates over the SARR. But
2 hasn't the Board used crossover traffic in other cases
3 that didn't use the SARR at all or didn't use any of
4 the SARR's facilities and hasn't that been in our
5 precedent?

6 MR. SIPE: I think the Board did do that
7 in the CSX Duke case. And I read the discussion of the
8 issue a couple of times, and I'm not sure I understood
9 it. And here's my problem on this particular issue,
10 but it may be just a lack of understanding.

11 The guidelines talk about grouping traffic
12 so as to share joint and common costs between non-
13 issue traffic and the issue traffic. That's pretty
14 much a statement out of the guidelines. That's an
15 objective that we all recognize as a valid objective
16 and it's part of what makes SAC work.

17 Where you don't have traffic sharing the
18 same facilities, it seems pretty clear that the
19 sharing of costs, at best, become tenuous.

20 And then we have statements in a couple of
21 subsequent cases to the effect that a shipper should
22 not be asked to pay for facilities it doesn't use.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So we thought under the Board's precedent
2 it is more colorable to say that that traffic should
3 be excluded. But as I mentioned if a proper
4 application of the PPL subsidy test solves the
5 problem, then maybe it doesn't need to be a big issue
6 here.

7 CHAIRMAN NOBER: Let me start with the
8 same issue I started with with Mr. DiMichael, which is
9 what is -- if we assume for the sake of argument that
10 the shipper puts in a feasible operating plan, what
11 amount of deference ought that to get?

12 Now, you all have objected very much to
13 the Board extrapolating operating plans in past case.
14 You have felt that that placed an unfair burden.
15 You've objected to being asked to model entire
16 railroads. I think you've made a point not to quote
17 briefs of having the Board make the railroad prove the
18 shipper's case for it.

19 Now here, just for the sake of argument,
20 let's say we have an example where the shipper has put
21 in a feasible operating plan, which is what everyone
22 has wanted them to do. In that circumstance then how

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 much deference should we give even the assumptions
2 that go into it like yard and dwell time if we have
3 one?

4 MR. SIPE: Okay. Well, let me try to be
5 as specific as I can. And I will tell you, Chairman
6 Nober, that I don't view myself as necessarily the
7 world's expert on these issues, but I am familiar with
8 them.

9 I would say that where the Board accepts
10 the shipper's operating plan, that means that the
11 shipper has proved its case regarding mainline
12 facilities; that is the amount of track capacity you
13 needed. It hasn't proved its case, obviously, as to
14 the unit costs of those facilities. But in terms of
15 miles of track it's proved its case. Basically how
16 much railroad infrastructure do you need.

17 CHAIRMAN NOBER: Okay. And would yard
18 capacity be a function of that?

19 MR. SIPE: No, yard capacity is not a
20 function of that. I tried to explain this and may not
21 have been sufficiently clear.

22 CHAIRMAN NOBER: No. You said you think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it's a function of dwell time.

2 MR. SIPE: I think yard capacity is
3 primarily a function of dwell time, and dwell time is
4 not an output of the string program. It's an input,
5 it's an assumption. Our witness on that in this case
6 is Mr. Loren Mueller, who is a former BNSF operating
7 officer who took a look at real world yards and knows
8 what you have to do in yards.

9 And I could go down the different other
10 categories. I mean, transit times, line haul transit
11 times are a function of the operating plan. Line haul
12 transit times effect number of crews, so I think you
13 probably have a pretty good correlation there between
14 a valid shipper operating plan and the number of train
15 personnel you might need. But I'd better watch myself,
16 because there's some things buried in the details
17 there like assumptions that some guy's going to work
18 270 days a year. I don't think we necessarily agree
19 with that.

20 Locomotives, however, there are issues
21 other than the output of the operating plan that
22 effect the number of locomotives you need, which has

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to do with how you calculate the peaking factor which
2 is an issue in this case.

3 So, you know, what I would say as a
4 generic matter is if I am you, Chairman Nober, saying
5 to my staff produce for me a decision that generates
6 the right results based on the fact that we're going
7 to accept the shipper's operating plan, what I'd say
8 is go and identify for me how closely each of these
9 factors is determined by the output of the operating
10 plan, and you should be able to figure it out.

11 CHAIRMAN NOBER: Did you have a question?

12 VICE CHAIRMAN BUTTREY: On that same
13 point, we've visited several yards, several inspection
14 points on the different railroads. And the
15 information that we get when we do that, I believe,
16 I'm accurate in saying that the information we get is
17 that coal trains, the coal -- transportation of coal
18 on rails tears up more cars, more rail and requires
19 more inspections than anything else that the railroad
20 does. Now, I don't know whether anybody else would
21 agree with that or not, but that's the information
22 that I take away from these site visits that we do.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And I'm also under the impression, anyway,
2 that there are more inspections done at the beginning
3 of the trip as the coal moves out and the beginning of
4 the trip going back, so to speak, with the empties
5 than anywhere else along the line.

6 Wouldn't have a significant effect on
7 these dwell times and the yard capacities.

8 MR. SIPE: I think clearly if you're doing
9 more and more intense inspections, Vice Chairman
10 Buttrey, you're going to have longer dwell times.
11 Sure. Not to mention all the other things that go into
12 it like switching out bad order cars and so forth,
13 which happens a lot with coal trains.

14 MR. WEICHER: And if I may, Vice Chairman
15 Buttrey, that is also why, empirical observation is
16 why the data in one of the charts that the complainant
17 put up comparing system average maintenance of way
18 numbers out of the R1, spreading everything across
19 everything, is not an accurate portrayal for coal.
20 Our's is, as Mr. Sipe said, a ground up or from the
21 ground up build up of the true costs.

22 COMMISSIONER MULVEY: Otter Tail expressed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a purpose for its operations to develop the Fargo
2 area. I, too, have visited Fargo and am quite fond of
3 Fargo and its people. But I'd like to ask you, do you
4 have any data on what the delivered price of coal is
5 to the final consumer compared to the transportation?
6 What share of that is rail transportation costs?

7 MR. SIPE: It's in the record, and I think
8 I have a volume in a briefcase, I could look it for
9 you. But I can tell you where it is. In our reply
10 evidence we sponsored it would be section 3A
11 somewhere. We sponsored testimony by an electric power
12 expert, Mr. Kenneth Slater who looked specifically at
13 delivered cost of power to Big Stone. And as Mr.
14 Weicher say, what Mr. Slater found is that the
15 delivered cost went up by a nontrivial amount between
16 the end of 2001 and 2002, which was when our rate
17 increase took effect. A vast preponderance of the
18 increase was attributable to an increase in the
19 unregulated price of coal.

20 You wouldn't have to be too paranoid to
21 think that maybe these folks are trying to make up for
22 whoever made that decision on the coal, by getting a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 little money back from the railroads.

2 COMMISSIONER MULVEY: Mr. DiMichael
3 submitted this evidence, I'm sure you've seen this.

4 MR. SIPE: Well, I saw it this afternoon.

5 COMMISSIONER MULVEY: And it does look as
6 though the amount of revenue for the short haul both
7 on a revenue per ton mile basis and on revenues per
8 ton are very much less favorable for the short line.
9 Are these numbers representative of shipments when it
10 has to be revenue division between two railroads?

11 MR. SIPE: I certainly can't say that they
12 are representative, Commissioner Mulvey. What I can
13 tell you is this: That Otter Tail's regressions that
14 drive the vast majority of the revenue allocation
15 consisted of five movements on which the BNSF portion
16 was less than 200 miles. And these are two of the
17 five.

18 COMMISSIONER MULVEY: A regression with
19 five observations?

20 MR. SIPE: Yes. None of which was a
21 Powder River Basin coal movement. I mean, I just
22 don't think you can place any credence in that at all,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 even if you were to say that what happens in the real
2 world is a valid paradigm for what happens in a
3 contestable market. And I don't think you can say
4 that.

5 COMMISSIONER MULVEY: I'm just wondering
6 what kind of confidence you can have in a regression
7 model result based on five observations?

8 MR. SIPE: We put in a detailed study of
9 their regressions. And I think, frankly, we knocked
10 that out of the park. We have no confidence in it.

11 CHAIRMAN NOBER: Let's come back to this
12 issue.

13 MR. WEICHER: I just wanted to make one
14 additional comment, Commission Mulvey. And I guess we
15 are not, and I assume we can't discuss in public the
16 details of these exhibits he gave you, but there are--
17 and a lot of this is in our evidence. But there are
18 issues in terms of the nature of these movements and
19 in a contestable market, the elasticity or
20 inelasticity of one or the other end of these sample
21 movements that make them completely inappropriate to
22 compare it to coming out the Powder River Basin on a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 short haul division. I realize that's sort of a
2 mouthful.

3 COMMISSIONER MULVEY: Yes.

4 MR. WEICHER: But in addition to how few
5 samples they are, they're irrelevant to the texture of
6 what is supposedly being created here, a stand alone
7 railroad.

8 COMMISSIONER MULVEY: You said in your
9 testimony about this crossover traffic that 95 percent
10 of the traffic in this instance is crossover traffic.
11 Our approach permits crossover traffic. But do you
12 feel that there should be some sort of cap on how much
13 traffic that's accepted or what percent would be too
14 much?

15 MR. WEICHER: We have argued before there
16 should be a cap out and the Board reject that. Things
17 like 50 percent or so. But that issue doesn't have to
18 be reached here from the standpoint, as Mr. Sipe has
19 gone through and I tried to explain.

20 The principle of sharing of facilities is
21 violated here by all this traffic coming south from
22 Cordero and Donkey Creek. It doesn't use the same

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 railroad except artificially when you loop in a bit of
2 crossover that goes north that comes from a mine
3 farther south that you can get an overloop. This is a
4 construct on a construct. It is not proper crossover
5 traffic, at least and you know Mr. Sipe referred to
6 one of these two cases, nothing like you've ever done
7 in a western coal case that I'm aware of and something
8 that would be economically a real stretch, an abuse of
9 crossover and crossover.

10 CHAIRMAN NOBER: Let's turn to
11 productivity, which again I guess been an issue in the
12 last five or six straight cases, as you know. And what
13 I'm struggling to understand is what is a fair measure
14 here. And, you know, the shippers here presented some
15 evidence and they've talked about some productivity
16 gains that they might achieve and how the RCAF-As even
17 calculated it if it's a rolling average of past-
18 productivity. And the question is why is it not fair
19 to say that a SARR might gain some productivity and at
20 this point the same productivity that a class 1 would
21 gain?

22 MR. SIPE: Well, I think --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN NOBER: What productivity is BN
2 getting that the SARR wouldn't?

3 MR. SIPE: There are two questions there,
4 and let me start with the first one.

5 CHAIRMAN NOBER: Okay.

6 MR. SIPE: I don't disagree with the
7 proposition that a SARR might realize some
8 productivity in the future. But I think in the context
9 of an adjudication where the evidence is going to be
10 based on substantial evidence of record, there is not
11 substantial evidence of record submitted by the
12 shipper in this case that shows you what such
13 productivity is. I mean, if that sounds --

14 CHAIRMAN NOBER: Well, they put up a list
15 of 15 different things.

16 MR. SIPE: They put up a list of factors.
17 They put up 314,000 pound railcars.

18 CHAIRMAN NOBER: They --

19 MR. SIPE: Have you guys talked to Carl
20 Ice about when those 315,000 pound railcars are coming
21 on line? I mean, it's all conjecture. That's not
22 evidence. You've got to try and quantify it, tie it to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the numbers in the record.

2 MR. WEICHER: They have put in a list of
3 things that could result in productivity but not
4 evidence of what -- or anyone's real prediction that
5 specific items could occur that would lead to a
6 specific productivity included to reflect what they're
7 asking for the index.

8 CHAIRMAN NOBER: Well, isn't what's before
9 us to decide whether or not a stand alone railroad is
10 entitled to the same assumption of productivity
11 increases that a class 1 would be? And up to now the
12 argument has been well, you know, the class 1 -- a
13 brand new railroad would be state of the art and the
14 class 1 is still bringing itself to state of the art,
15 if you will. So the class 1 will achieve productivity
16 increases that a brand new railroad wouldn't. And the
17 question is is that really true going forward?

18 MR. SIPE: Well, that is an interesting
19 question.

20 CHAIRMAN NOBER: I'm just trying to
21 understand the point.

22 MR. SIPE: But I think --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN NOBER: Well that's what we have
2 to decide.

3 MR. SIPE: No, it's a question that has to
4 be decided in the context of the record in this case.
5 I mean, I will say as a counsel for BNSF that I did
6 not believe that we were under an obligation to come
7 in and make a showing to the Board about our real
8 world productivity. Maybe the Board wants to ask us
9 to do that in a future case. But I think where the
10 Board --

11 CHAIRMAN NOBER: But that's not what I
12 asked. I asked -- what I asked was what -- they give
13 a list of productivity; you said it speculative, can't
14 accept it. So I said well what then would they not be
15 entitled to. So I mean essentially you've met --
16 their evidence you've responded to by saying well it's
17 not true.

18 MR. SIPE: Well, we didn't --

19 CHAIRMAN NOBER: Am I missing something.

20 MR. SIPE: We didn't have a chance to
21 respond to it, Chairman Nober. It came in on rebuttal.
22 If you'd like to ask us now to submit evidence on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that, we'll do it. But I can't refer to evidence that
2 we haven't produced.

3 CHAIRMAN NOBER: I guess what I'm trying
4 to get at is what would they have to show in order to
5 satisfy you that they have met -- not to satisfy me,
6 but to satisfy you.

7 MR. SIPE: Well it would be hard to
8 satisfy me.

9 CHAIRMAN NOBER: Could it be done?

10 MR. SIPE: How about let's take a
11 hypothetical reasonable person.

12 CHAIRMAN NOBER: Or me, for example.

13 MR. SIPE: And that would be you.

14 CHAIRMAN NOBER: Or us collectively, yes.

15 MR. SIPE: That would be the three of you
16 and your esteemed advisors collectively.

17 What I think it would take to satisfy you
18 reasonable people would be something that showed a
19 correlation between specific areas of productivity and
20 a particular operating cost that escalates over time,
21 like labor, like locomotive maintenance;.show me the
22 nexus.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN NOBER: Should we assume one man
2 crews or assume the same rate that class 1s are
3 assuming one man crews?

4 MR. SIPE: No, I wouldn't -- I wasn't
5 aware that class 1s were assuming that. But I --

6 CHAIRMAN NOBER: They're hoping for,
7 excuse me.

8 MR. SIPE: I don't think on this record,
9 unfortunately, you can do that. And I know maybe that
10 sounds like a lawyerly response, but that's part of
11 what we're up to here.

12 MR. WEICHER: Well, I don't know if it's
13 both a lawyerly and a practical response from a
14 railroad standpoint. I don't know how you could assume
15 in the context of something like this those kinds of
16 dramatic changes. Might they occur sometime in the
17 future? It is possible. These are goals of an
18 industry. But how you could assume that in the
19 context of a rate case without concrete evidence,
20 especially for coal trains to assume dramatic
21 productivity increases when this is already one of the
22 most efficient that runs on a railroad. There's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 always an issue in contract negotiations or issues
2 with utilities. From the railroad standpoint these
3 areas are already highly efficient. This is the
4 ordinary stuff. But you can't, I don't think, simply
5 assume dramatic changes in the future based on someone
6 saying a list of here are things that could happen,
7 especially in such serious areas.

8 COMMISSIONER MULVEY: Well, there are
9 several kinds of productivity increases. There are
10 some productivity increases that rain down like manna
11 from heaven and effect all railroads. These would be
12 things like major technological changes that come in
13 the future and that all railroads can adopt. Other
14 productivity increases come from changes in operations
15 where the railroad becomes more efficient over time.

16 So you could possibly separate out those
17 two kinds of productivity increases and say that well
18 the ones that the portion of productivity increases
19 that have come from technological change, that is that
20 effects all railroads equally, you might be able -- I
21 mean, there are ways of doing this. I do think the
22 Board needs to look at it because I think we all agree

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that the RCAF-U and the RCAF-A are two extremes,
2 neither of which fully capture what the potential is
3 over the long haul.

4 So it's something, I think, that needs
5 further investigation.

6 MR. WEICHER: If I may, Commissioner
7 Mulvey, it's self-serving to say this but I think my
8 company is already a low cost carrier, if not the
9 lowest cost carrier. And therefore to assume the most
10 dramatic productivity changes would be pretty radical.

11 But also, as you said, this has been
12 raised at least in the other proceeding, nonproceeding
13 or whatever, on SAC. Because it does have
14 ramifications across industry data.

15 COMMISSIONER MULVEY: You also mentioned
16 cost-based versus market-based estimates. Are you all
17 concerned about the philosophical issue involved here?
18 We start getting back to cost-based analysis and we
19 start moving away from the whole purpose of
20 deregulation, getting away from cost-based
21 calculations and focusing on the market and the
22 demand-based calculations?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SIPE: Well if I understand the
2 question correctly, I think there is a concern that
3 any cost-based revenue allocation is going to have an
4 element of arbitrariness that you wouldn't get by
5 observing actual through rates made in a real market.
6 But the reason why it's okay to use a defendant
7 carrier's real through rates is that those rates made
8 in a real market and you are in some sense testing not
9 just the rate of the challenged shipper, you're
10 testing a subset of rates.

11 There are no rates on crossover traffic.
12 Be definition they simply don't exist. It's like a
13 unicorn or a jackalope. And the best you're going to
14 be able to do is come up with, I think the Board has
15 used the word, precision. It's going to be an
16 approximation, and that's dangerous.

17 COMMISSIONER MULVEY: Thank you.

18 CHAIRMAN NOBER: Okay. Well, Mr. Weicher
19 thank you very much.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701